

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

FEDERAL ENERGY REGULATORY COMMISSION

Office of Energy Projects

----- x

TransCanada Hydro Northeast, Inc.

Wilder		Project No. 1892-026 -
Bellows Falls		Project No. 1855-045
Vernon		Project No. 1904-073
New Hampshire/Vermont		

----- x

BELLOWS FALLS - Evening Meeting

Bellows Falls Middle School  
15 School Street  
Bellows Falls, Vermont 05101  
Tuesday, January 29, 2013

The evening scoping meeting, pursuant to notice,  
convened at 7:15 p.m., before a Staff Panel:

1 KEN HOGAN, Project Coordinator, FERC  
2 MARY GREEN, Geology and soils, FERC  
3 RALPH NELSON, Geology and soils, FERC  
4 MARY McCANN, Endangered species and  
5 macroinvertebrates, FERC  
6 BRETT BATTAGLIA, Terrestrial resources, FERC  
7 ADAM BEECO, Recreation, land use and aesthetics,  
8 FERC  
9 ANGIE SCANGAS, Water resources, FERC  
10 ROBERT QUIGGLE, Archaeological and cultural  
11 resources, FERC.

12  
13 With: JOHN RAGONESE, FERC License Manager,  
14 US Northeast Hydro Region, TransCanada  
15 Accompanied by EDWIN NASON and EARL BRISSETTE  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

1	C O M M E N T E R S	
2	Geology and Soils or Erosion Concerns	
3	JIM McCLAMMER	16
4	JOHN BRUNO	18
5	JAN LAMBERT	20
6	MICHAEL FAIRCHILD	25
7	TOM KENNEDY	26
8	ALMA BEALS	27
9	DAVID DEEN	28
10	Water Resources - Water Quantity and Quality	
11	DONNA DROVIN	31
12	Fishery or Aquatic Resources	
13	NORMAN SIMS, Appalachian Mountain Club	34
14	DONNA DROVIN	35
15	Terrestrial Resources	
16	JIM McCLAMMER	39
17	JAN LAMBERT	47
18	JOHN BRUNO	54
19		
20		
21		
22		
23		
24		
25		

1	Threatened and Endangered Species	
2	Recreation, Land Use and Aesthetic Resources	
3	JAN LAMBERT	57
4	ERIC ANDERSON	61
5	NORMAN SIMS	61
6	TOM CHRISTOPHER	64
7	DONNA DROUIN	67
8	GARY FOX	68
9	RICHARD HOLMES	69
10	ALMA BEALS	70
11	DAVID DEEN	72
12	Socioeconomic Resources	
13	JAN LAMBERT	73
14	Cultural Resources	
15	Developmental Resources	
16	JAN LAMBERT	76
17		
18		
19		
20		
21		
22		
23		
24		
25		

## 1 PROCEEDINGS

2 MR. HOGAN: Welcome everybody. My name is Ken  
3 Hogan, I'm with the Federal Energy Regulatory Commission.  
4 I'd like to see a show of hands of who have heard of the  
5 Federal Energy Regulatory Commission before.

6 (Show of hands.)

7 Everybody. Okay, Mary, you're off the hook.

8 Mary typically gives a little spiel about the  
9 Commission, tells you who we are.

10 Tonight we're here to talk about the Bellows  
11 Falls project, a project going through hydropower  
12 relicensing at the Commission; and the purpose of the  
13 scoping meetings is to seek local community input on issues  
14 or concerns or compliments with TransCanada's hydroelectric  
15 project here in Bellows Falls.

16 This process is very important to the Commission  
17 because we don't like to make decisions in a vacuum. We're  
18 coming from Washington, D.C.; we want to hear your concerns  
19 because you live with the project day-in and day-out, every  
20 day of the year; and it's really important for us to have an  
21 understanding of what the issues are that we need to be  
22 looking at in our environmental document that we prepare, to  
23 make a recommendation to the Commission.

24 So I have -- I'm going to go through and actually  
25 do introductions; but I've forgotten this twice now, with my

1 team; so I'll start here.

2 MS. GREEN: Mary Green with FERC, geology and  
3 soils.

4 MR. BEECO: Adam Beeco with FERC. recreation,  
5 land use and aesthetics.

6 MR. SEARS: Mike Sears with FERC, fisheries and  
7 aquatic resources.

8 MS. McCANN: Mary McCann with FERC. Endangered  
9 species and aquatic, macroinvertebrates and mussels.

10 MR. BATTAGLIA: Brett Battaglia, also with FERC.  
11 Terrestrial resources.

12 MR. QUIGGLE: Rob Quiggle with FERC.  
13 Archaeological and cultural resources.

14 MR. HOGAN: And we have Angie Scangas out back;  
15 she's a hydraulic engineer. Is that right, Angie?

16 MS. SCANGAS: Yes.

17 MR. HOGAN: She does the water modeling reviews  
18 for us.

19 MR. NELSON: Ralph Nelson, soils and geology.

20 MS. BLADEN: I'm Elizabeth Bladen, I'm the FERC  
21 attorney for the project, all three of the TransCanada  
22 projects.

23 MR. HOGAN: Elizabeth isn't feeling very well  
24 tonight, so.

25 MR. HOGAN: I'd like to see a show of hands of

1 folks who are familiar with the FERC licensing process.  
2 Just so I can get an idea of how much stuff I should go  
3 into.

4 (Show of hands.)

5 MR. HOGAN: Okay, a fair number of you but not  
6 enough of you. So I'm going to go through to go through at  
7 least the first year of the licensing process.

8 On this handout, the flow chart is the  
9 Commission's Integrated Licensing Process for hydroelectric  
10 project relicensing. We are currently in Box 4. The box  
11 numbers are in the lower right hand corner of the box in  
12 kind of a reddish brown color. That's when we hold our  
13 Commission scoping meetings, what we're doing tonight.

14 After tonight we'll have an opportunity for  
15 written comments to be filed by March 31st. This is your  
16 opportunity to comment on the Commission's Scoping Document  
17 1, which is another handout. Adam, can you hold that up?

18 That one. Thank you, Mary.

19 So comments on the Commission's Scoping Document  
20 1 are due March 1st; also comments on the Applicant's pre  
21 application document, which is the document that explains  
22 their proposal and describes the projects that you probably  
23 all seen if you're here today. Comments on that document  
24 are due March 1st, and study requests are due on March 1st.

25 Study requests I'll get to in a little bit,

1       regarding the specific criteria that the studies must  
2       follow; and in this packet here I have those criterion; I'll  
3       do a little bit of a discussion about that in a minute.

4               Once the comments and study requests are filed,  
5       the Applicant will then prepare a proposed study plan. That  
6       study plan is all the studies that the Applicant is  
7       intending to implement to address the issues that they've  
8       heard about tonight and throughout these public meetings  
9       that we're holding.

10              Following the issuance of that proposed study  
11       plan, there's a 90-day period of time that is used to work  
12       with the applicant to modify that study plan into a revised  
13       study plan. During that 90-day period of time there is a  
14       requirement for at least one public meeting to voice your  
15       concerns or issues; and at the end of the 90 days the  
16       Applicant will provide a revised study plan that hopefully  
17       better identifies or meets stakeholder needs or concerns for  
18       information gathering efforts.

19              Is everybody following me so far?

20              I need a show of hands.    Yes?   Nods?

21              Okay, good.

22              Once the Applicant files their revised study  
23       plan, and I'm now at -- I'm sorry. During that 90-day  
24       period, at the end of the 90-day period there's a comment  
25       period on the proposed study plan where you can make

1 official comments, file with FERC, identifying concerns you  
2 have with the proposed study plan, then the Applicant will  
3 make a further revised study plan.

4 The revised study plan is then also open to an  
5 opportunity for comment; so if during the 90 days you feel  
6 that you had an agreement with the Applicant on certain  
7 studies or methodologies to implement the study and it  
8 didn't come through in the revised study plan, it's your  
9 opportunity to let FERC know "Hey, I thought it was going to  
10 go this way and it didn't, so we just want to let you know  
11 we're not happy with this aspect or that aspect of the  
12 revised study plan. And the Commission will then use that  
13 information in making a study plan determination.

14 Now that determination is an order to the  
15 Applicant to implement their revised study plan as is or as  
16 modified by that determination, and we use the study  
17 requests and all the information that's gathered throughout  
18 the study plan development phase of the ILP to inform the  
19 Commission's decision on that study plan determination.

20 This is a very open and transparent process; and  
21 I don't want to go to far, because once that determination  
22 goes out, the Applicant will then take that study plan and  
23 implement it, and usually it's a one, two or sometimes even  
24 more years of study; usually it's one to two years. So that  
25 takes us way down the road here, and I don't think you want

1 to sit here and listen to me go through the next three years  
2 of process. Do you? Or do you.

3 AUDIENCE: No.

4 MR. HOGAN: All right. So I'm going to quickly  
5 go over some information about how to get information from  
6 FERC. We have a public brochure here; I think there's  
7 probably enough that everyone is able to grab one today; we  
8 were running low.

9 On page 12 of this brochure, there's a section  
10 called Get Information. And we have a couple of electronic  
11 services at FERC; one is called eLibrary. That is an  
12 electronic library of every issuance or filing made with the  
13 Commission, and you can search based on the project number,  
14 the specific docket, and look at the entire record of  
15 everything that's been filed with the Commission or issued  
16 by the Commission and not only see what it was but also  
17 actually read the document. Would it be a PDF, a Word  
18 document, or an image, a photocopied image that is actually  
19 downloadable and available to you.

20 Another resource to you is what we call  
21 eSubscription. If you sign up for eSubscription, what  
22 you'll receive is an e-mail every time the Commission makes  
23 an issuance or an entity files a document with FERC; and  
24 embedded in that e-mail will be a link to that document; and  
25 again, you'll be able to click on the link and it will take

1       you straight to the document and you'll be able to review it  
2       for yourself.    So we do maintain a very transparent process  
3       and we encourage you to use these systems if you want to be  
4       kept engaged.

5               Now I said I'd get back to the study criteria,  
6       and I will do that.   The next few pages are the schedule for  
7       the current Integrated Licensing Process; this is where we  
8       actually have the dates included; it's not just a flow chart  
9       with numbers of days and activities.   But on the last page,  
10      I have the study plan criteria.

11              These are seven criteria that if you're going to  
12      be filing a study request with the Commission, you really  
13      should address. I can't stress that enough.   This is the  
14      Commission's litmus test as to whether or not the study is  
15      warranted or not warranted.   We follow these criteria to a T  
16      and we take them seriously.

17              Criterias 2 and 3 are mutually exclusive,  
18      depending on whether you're a member of the public or a  
19      resource agency, so there's really only six criteria that  
20      must be addressed.   I don't want to go through all of them  
21      tonight, but I just want to make sure you're aware of them.

22              We have another document, the Guide.   This is a  
23      new document produced by FERC; it's Guidance on Applying the  
24      Study Criteria.   I highly recommend, if you're going to be  
25      providing study requests that you take a look at this

1 document. This hasn't been available to most ILP  
2 stakeholders or participants; this is new as of March of  
3 last year. It gives examples, it gives explanations of what  
4 FERC is looking for, and when you address the criteria, like  
5 I said, it does give examples of a criterion and mock study  
6 requests and things of that nature. So this is a really  
7 useful tool if you want to make convincing study requests to  
8 FERC. This is what we're looking for.

9 For the rest of the meeting what I'd like to do  
10 is, we're going to go through our resource areas, things  
11 that we've identified in Scoping Document 1 as potential  
12 issues that the project may have, or potential effects the  
13 project may have. When we do that, we're going to turn to  
14 John Ragonese with TransCanada to identify any studies that  
15 they have conducted, associated with the respective resource  
16 area, and then we're going to seek comments from the public  
17 on that individual resource area, and then we'll move to the  
18 next resource area.

19 Sound like a plan?

20 Okay. I'm getting good nods; I like that.

21 Feedback.

22 Geology and soils.

23 Geology and Soils

24 MR. NELSON: I'm going to be referring to Section  
25 4.2.1 of the scoping document. This is on page 24. That

1 starts the list of issues and resources that we've  
2 identified.

3 In geology and soils, under that bulletin: The  
4 effect of project's operation and maintenance on riverbank  
5 erosion, including the potential effects on protected  
6 species, cultural resources or the structural integrity of  
7 adjacent facilities.

8 MR. RAGONESE: Good evening. So what I'd like to  
9 do is address all of our, TransCanada's activities on the  
10 basis of what we might have included in our pre application  
11 document and what we might have done for pre scoping  
12 studies, and then any other planned studies that may be in  
13 the works that are associated with any of these resource  
14 areas.

15 So in the topic of geology and soils, we didn't  
16 really have any specific studies that we specified and  
17 proposed in our pre application document; rather than do  
18 that, we felt we would wait until scoping occurred, and  
19 study requests came in. And likewise, we didn't have any  
20 project mitigation enhancement proposals as well. But on  
21 the other hand, we did do a number of different, or initiate  
22 a number of different studies, and many in part are  
23 associated with geology and soil resources.

24 The first one mentioned is a shoreline survey.  
25 We took a study season, and with several boat crews

1 identified a number of different resources including active  
2 erosion; and these would be generally stretches of erosion  
3 that were about 25 feet or greater along the shorelines of  
4 our reservoirs, in this case Bellows Falls, and most of  
5 these -- all of these resources are mapped in a GIS  
6 platform. And we have this study summary, and in terms of  
7 its report, and we will have some sort of GIS-based  
8 published map file that will be available on our web site,  
9 which is: [www.TransCanada-Relicensing.com](http://www.TransCanada-Relicensing.com).

10 On that website there will be a number of studies  
11 that will be posted over time; but let's look under the  
12 overview tab under the public information library, and  
13 that's where you'll see published studies, as we continue  
14 the process.

15 So we also conducted what's known as a Phase 1A  
16 archaeological study, primarily associated with areas where  
17 the project may or may not be affecting, or if there's some  
18 potential erosion going on on the project; shoreline areas,  
19 any impacts that might be associated with the historic or  
20 cultural resources. And that's a pretty standard study that  
21 needs to occur in order to get a license. The result of that  
22 study goes to the State Historic Preservation Office, and we  
23 review the results together and formulate whether or not  
24 additional survey or investigation of certain locations  
25 might have to occur; and then lastly whether or not any

1 recovery efforts need to be occurring at one of those  
2 particular sites.

3 That study is in its final stages; it has not  
4 gone to the SHPO yet, but it will. We also conducted a  
5 rare, threatened and endangered species survey of the  
6 Bellows Falls reservoir and downstream, affected reaches to  
7 the Vernon project; and in this case we got potential  
8 candidates from both states, and about a thousand feet of  
9 either boundary of the reservoirs; and then we whittle those  
10 down to those species or potential locations that might be  
11 affected by project operations; and then we went out and did  
12 a field survey, looking for those locations. Some of them  
13 are hard to find, some of them were not found, but we also  
14 found many new ones as well.

15 So that survey is just about ready to be released  
16 to the agencies; and I also want to point to an erosion-  
17 based study that was conducted as part of the relicensing  
18 from before, at Bellows Falls and that's in 1979, U.S. Army  
19 Corps or Simmons' Connecticut River Basin Erosion Study.

20 And that's it.

21 MR. HOGAN: Does anybody have any comments  
22 regarding geology and soils or erosion conditions?

23 Geology and Soils or Erosion Concerns

24 MR. HOGAN: We are recording the meeting with a  
25 court reporter; so please wait for the mic, given the size

1 of the room; and before you start to speak, provide your  
2 name and affiliation.

3 MR. McCLAMMER: My name is Jim McClammer, I'm a  
4 resident of Charlestown, New Hampshire; I'm also a  
5 commissioner on the Joint Rivers Commission. And I have a  
6 question about the Phase 1A archaeological study, in terms  
7 of the extent. Basically it had to be determined which  
8 areas you're going to look at. Did you look anyplace where  
9 there was a reservoir, where the dam has impounded water?  
10 Or was it basically where the SHPO had suggested there might  
11 some sensitive resources? Or was there a combination?

12 MR. RAGONESE: It's a combination; we did both.

13 MR. McCLAMMER: Any idea when that study will  
14 come out? Because actually, I'm also an environmental  
15 consultant, and frequently when we do projects on the  
16 Connecticut River required by a SHPO, basically, to do a  
17 Phase 1A. I've got a project now which is adjacent to one  
18 of your impoundments; if you've already done 1A, we don't  
19 need to do it again. And so that's why I'm asking.

20 MR. RAGONESE: It will probably be released to  
21 the SHPO in a matter of weeks.

22 MR. McCLAMMER: Within a matter of weeks. That  
23 would be --

24 MR. RAGONESE: It won't probably be available to  
25 the public, because of the locations will be identified in

1 that report. But you will be able to at least request, as a  
2 consultant, once you have some sort of copy or whatever they  
3 require for confidentiality -- whatever they require to  
4 release that information, you would need to acquire that  
5 from the SHPOs.

6 MR. McCLAMMER: So it sounds like, your specific  
7 cites to 1A were really narrowly circumscribed. It wasn't  
8 20 miles of bank where there's potential resources.

9 MR. RAGONESE: We looked at all the -- basically  
10 all of the shoreline areas that are affected by project  
11 operations.

12 MR. McCLAMMER: And that can be anyplace there's  
13 a -- water, and so that can be --

14 MR. RAGONESE: I think downstream of the dam.

15 MR. McCLAMMER: Pardon?

16 MR. RAGONESE: Up and downstream of the dam.

17 MR. McCLAMMER: So where could the reservoirs  
18 extend? Ostensibly, you look for --

19 MR. RAGONESE: Where the reservoir extended  
20 upstream.

21 MR. McCLAMMER: Yup.

22 MR. RAGONESE: And where flows are affected by  
23 project operations downstream.

24 MR. McCLAMMER: Which is a good piece of the  
25 riverbank. Thank you.

1                   MR. RAGONESE: Basically from Vernon Dam to  
2 North--

3                   MR. McCLAMMER: In that direction. I'm thinking  
4 about specific -- well, it doesn't matter.

5                   MR. RAGONESE: Did that answer your question?

6                   MR. McCLAMMER: It gives me a better  
7 understanding. So you've done an awful lot of  
8 archaeological work.

9                   MR. RAGONESE: Yes.

10                  MR. HOGAN: Mic.

11                  MR. BRUNO: My name is John Bruno, and I live  
12 about five miles upstream of the Bellows Falls Dam on the  
13 Connecticut River. And in reviewing the scoping study, the  
14 document, the first document, I notice that in Vernon and in  
15 Turners Falls that, I think in Vernon you were going to be  
16 studying erosion and in the Turners Falls you were actually  
17 going to be studying erosion and doing remediation.

18                  My observation in living on the river for the  
19 last seven years is that there's an extensive amount of  
20 erosion going on in the impoundment area of the Bellows  
21 Falls Dam. And I'm wondering why, number one, that there's  
22 not, the erosion is not going to be studied and remediation  
23 was not included in the scoping study that I received and  
24 reviewed. In my opinion, there should be studies of erosion  
25 and there should be remediation included as it is in the

1 Turners Falls project for the Bellows Falls Dam; and I think  
2 that should be a condition of the renewal of the permit.

3 Thank you.

4 I also have a memo. I don't know if anybody's  
5 collecting these.

6 MR. HOGAN: A prepared statement? Yes, we'll  
7 take that.

8 MR. BRUNO: Thank you.

9 (Document follows:)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1                   MR. HOGAN: If you have any prepared statements  
2 that you would like to be made part of the record, we're  
3 happy to append them to tonight's meeting transcripts.

4                   MS. LAMBERT: I'm Jan Lambert from Charlestown.  
5 I've been a resident there for 35 or more years, and I've  
6 been quite involved with various projects on the river,  
7 including 2001, 2002 I was very involved getting community  
8 involvement in NRCS, and whoever the company name was then;  
9 and Sullivan County Conservation District. We all worked  
10 together on a buffer zone.

11                   I guess my question right now is, as this  
12 gentleman back here mentioned remediation. I mean, what are  
13 you seeking right now? I mean, are you seeking about a  
14 study or comments on things that have actually been done?

15                   MR. HOGAN: What we're seeking is stakeholder  
16 comments and information from the folks in the local area  
17 about issues or concerns that they may have with the  
18 project, any recommendations you may have for the project,  
19 and also any compliments that you may have; if TransCanada  
20 is doing something well, we want to hear about that.

21                   MS. LAMBERT: So is this the right time to do it?

22                   MR. HOGAN: Absolutely.

23                   MS. LAMBERT: Okay, so --

24                   MR. HOGAN: And I'm actually going to also  
25 address the gentleman's question at the same time, if I may.

1           The scoping document that you reviewed and you  
2 identified; there were some studies being proposed and/or  
3 remediation. That represents what the applicant is  
4 proposing. Right now what FERC is seeking is any study  
5 requests or comments or issues that are concerns.

6           The studies that are necessary have not yet been  
7 determined, and that's why we're here. We're trying to find  
8 out what studies need to be determined, what are  
9 appropriate; and that's what we're going to be requiring  
10 TransCanada to do.

11           Once we have the information that's generated  
12 from those studies, we will seek recommendations on what  
13 types of remediations are appropriate, and then the  
14 Commission will do an environmental analysis to evaluate any  
15 proposed or recommended remediation efforts or enhancements  
16 that are being sought. We will determine the benefits of  
17 those and the cost and how implementing those types of  
18 measures will affect the project and what type of  
19 environmental benefits will be seen from doing those.

20           And then in the end, and we're talking multiple  
21 years out, we'll make a recommendation from our  
22 environmental document as to what's appropriate for a  
23 license if the Commission were to issue a new license to the  
24 project, under what conditions that license would be issued.  
25 And that's where the remediation or enhancements would be

1 incorporated or required; and that's for the Commission to  
2 make a decision on.

3 MR. BRUNO: I understood that. My comment was in  
4 response to the proposed scoping study as it was outlined in  
5 that, and it appeared to me in that outline that nothing was  
6 going to be done for the Bellows Falls aspect, impoundment  
7 area as it relates to erosion or remediation.

8 So I was interested in getting that included for  
9 the Bellows Falls project.

10 MR. HOGAN: Okay. Thank you.

11 Good. Jan?

12 MS. LAMBERT: Okay, so right now we're just  
13 addressing erosion. I'm going to be even more interested in  
14 wildlife. So you just want comments?

15 MR. HOGAN: We're going to get there.

16 MS. LAMBERT: Yes, when we get there. But it had  
17 a lot to do with erosion, too; and I took some before and  
18 after pictures. I just want to make sure that you all are  
19 aware that we did a natural resources inventory in  
20 Charlestown in 2009; and many of the lands that were  
21 outlined as being of special conservation concern belong to  
22 the hydroelectric power company. And a lot of that had to  
23 do with erosion, and we were able to note because of the  
24 project that had been done in 2001 to 2002, by the time 2009  
25 came I was able to go back to the areas and take some after-

1 pictures. So I have a set of before and after pictures  
2 here.

3 And ironically, it was the simplest things that  
4 achieved the greatest good. There was a herd of cattle  
5 grazing in a brook up there. The owner was advised to fence  
6 the cattle out of the brook, and within seven years there  
7 was this amazing transformation from a very eroded gully --  
8 muddy, bare-- and it transformed into a wonderfully alive  
9 wetland, backwater area, full of life.

10 But there are still things that need to be done  
11 there. I would be glad to talk in detail, and we could  
12 meet, our Conservation Commission could meet with a  
13 representative and come up with details. But it looks like  
14 you have a number of people on your committee there that  
15 have all these specializations; but indeed we, as you said  
16 before, we are the one who live there.

17 I have one complaint about what happened when we  
18 had this wonderful community project. There was a five year  
19 contract that the NRCS signed with the -- I don't think it  
20 was TransCanada, then. What was it? I forget. It went  
21 through several different names. Was it PG&E?

22 MR. RAGONESE: It's hard to forget.

23 MS. LAMBERT: I was close enough to the process  
24 so I knew there was a five year contract, and as a community  
25 coordinator, it kind of fell on my shoulders. Once the big

1 party was over and everybody went home; we had this  
2 wonderful set of gatherings where everybody worked together  
3 and planted 5,000 trees and it was a very involved project.  
4 I was involved with ordering the trees, and we had all kinds  
5 of people come in and volunteers and everything, but then  
6 everybody went home and I understand there was a five year  
7 period where there was supposed to be monitoring going on;  
8 and I kept calling people and they said "Well, if you want  
9 to go down there and look at it, you can." But one person  
10 is supposed to check out how 5,000 trees are doing?

11 So I was a little disappointed that there wasn't  
12 any follow up; but ironically, a great number of the 5,00  
13 trees but a lot of native vegetation came up. And my  
14 personal opinion from all my observations is that if they  
15 had just taken the 150 feet and set it aside it would have  
16 ended up being about the same situation, which is great.

17 So I guess my point is that you don't have to  
18 talk about a lot of funding and a lot of money; sometimes  
19 the simplest maneuvers can really help; nature will take  
20 care of the rest. So, thank you.

21 MR. HOGAN: Jan, you mention the study that you  
22 held up. Is that something that you have a copy of that  
23 you'd like to have filed with the Commission?

24 MS. LAMBERT: Actually, I was. This is my own  
25 hard copy, but I actually contacted Rachel Ruppel of the

1 Upper Valley Lake Sunapee Planning Commission today, and she  
2 e-mailed me a link to it, so I will be able to forward that  
3 on. She e-mailed me all the information how to comment to  
4 FERC. So we can send you the entire document if you like.

5 MR. HOGAN: Yes, if you have it available  
6 electronically and you want to eFile it, that would be --

7 MS. LAMBERT: Yes. Well, it's electronically  
8 available on line. She provided me with a link.

9 MR. HOGAN: Okay.

10 MS. LAMBERT: We'll get it to you.

11 MR. HOGAN: Great. Thank you.

12 My contact information is on page 5 of the first  
13 set of pages 5 in the scoping document. So there's the  
14 transmittal letter that's included in the scoping document  
15 and then we go into the scoping document. So the first page  
16 5 in the scoping document has my contact information, phone  
17 number, e-mail and so forth. So if anybody's looking for  
18 that, it's available there.

19 AUDIENCE: So it should be sent to you?

20 MR. HOGAN: My preference is for it to be  
21 electronically filed, but if you're not able to do that, you  
22 can e-mail it to me.

23 MR. FAIRCHILD: My name is Michael Fairchild,  
24 Brattleboro, Vermont. I happen to be involved in an  
25 activity that puts me on the Connecticut River physically

1       probably more than 100 days ever year; it's been going on  
2       for 20 years.

3                   And when you speak about the issue of erosion,  
4       and I could describe the river foot-by-foot for 50 miles or  
5       more. If you're looking for probably an example of some of  
6       the most serious erosion one could find on the Connecticut  
7       River, and it's definitely in the impoundment area of the  
8       Bellows Falls Dam. There's a lot of prime agricultural land  
9       on both sides. I've just watched it just slide away, year  
10      after year. So that's a concern I certainly have. Thank  
11      you.

12                   MR. HOGAN: Mic.

13                   MR. KENNEDY: Good evening. My name is Tom  
14      Kennedy; I'm with Southern Windsor County Regional Planning  
15      Commission, and I'm also a commissioner on the Joint River  
16      Commission.

17                   I'm wondering, and this is more I guess  
18      generalized, but it has to do with erosion and many other  
19      things; is whether there's going to be studies done on what  
20      I'll call climate change and our changing weather patterns.  
21      The severity of our rain events we've seen in the last  
22      number of years with Irene and Sandy and others that have  
23      occurred, I think are really starting to change sort of the  
24      hydraulics and the like. And I'm just wondering whether  
25      that's going to be taken into consideration as far as

1           impoundments, or that there has to be significant releases  
2           of waters from the dams and the like.

3                   MR. HOGAN: Well, we definitely like to address  
4           all issues that are raised at public meetings, and if you  
5           feel that there's a study that's appropriate that should be  
6           considered, I'd ask you to file a study request so that we  
7           can review that, and following the study criteria.

8                   SPEAKER: Generally speaking, hydraulic studies  
9           use historical data, and we seem to be entering into a new  
10          realm where the climate is changing, so I think we may be  
11          underestimating some events, given this climate.

12                   MR. HOGAN: Thank you.

13                   MS. BEALS: Hi, I'm Alma Beals of Ascutney  
14          Mountain Audubon. And a couple of our members did an  
15          erosion survey, and they had some suggestions of what could  
16          be helped. It's like, in this survey there's like eight  
17          different spots along the site of Herrick's Cove toward New  
18          Hampshire and along toward the Point.

19                   And I'm not qualified to talk on it, but I would  
20          like to have this report filed tonight.

21                   (Report follows:)

22

23

24

25

1 SPEAKER: Anyone else?

2 MR. HOGAN: David Deen.

3 MR. DEEN: David Deen, River Steward, Connecticut  
4 River Watershed Council.

5 I understand the concern for erosion in terms of  
6 land and whatever, but there's also an impact of excessive  
7 sediment loading in the river on the aquatic habitat, and  
8 that that should be quantified or at least evaluated in  
9 terms of what's been said before about the changing nature  
10 of our weather.

11 MR. HOGAN: Thank you.

12 Any other comments regarding geology and soils or  
13 erosion concerns?

14 No? Okay. Moving on to water resources.

15 Water Resources - Water Quantity and Quality

16 MS. SCANGAS: Hi, I'm Angie Scangas with FERC.

17 The resource issues identified in the scoping document-- and  
18 this is the section following Ralph's section on page 24.

19 The identified resource issues were the effects of current  
20 and proposed project operations on water quantity and  
21 quality, and in particular dissolved oxygen and temperature.

22 MR. RAGONESE: In terms of water resources, we  
23 didn't -- in the PAD, one of the primary elements concerning  
24 water resources was the discussion and information about our  
25 optimization, our river model. That is an opportunity to

1 evaluate alternatives through an optimization model. So we  
2 have a pretty large, sophisticated model that we intend to  
3 use to evaluate impacts and changes and alternatives that  
4 are proposed by stakeholders on what we're essentially doing  
5 now.

6 So there's a baseline case or baseline situation,  
7 and then all alternatives that get proposed would be sort of  
8 weighed against the baseline; and you might find what are  
9 the changes in generations, what are the changes; are there  
10 water resource constrictions, are there economic impacts,  
11 are there opportunities?

12 So there will be a lot of that modeling of  
13 different essentially operational changes for elements to  
14 help improve the particular resource -- that would be  
15 potentially achieved through operations; we would be running  
16 all of those through the river model.

17 Just to answer a question from earlier, there are  
18 number of elements that go into the model; we'll have a  
19 natural hourly inflow that will go into, as one of the  
20 inputs into the model; they will be historic examples.  
21 We're not going to take the most, the driest and record and  
22 we're not going to be taking the wettest on record, but  
23 we're going to be taking different percentiles. But it's a  
24 good question that was asked about the future. There could  
25 be an opportunity to tweak the inflow data series to somehow

1       mimic what climatologists believe will be some of the  
2       exacerbated events that might occur. There's an opportunity  
3       to do that, we're not doing that at this moment, but there's  
4       an opportunity to essentially research what those inputs  
5       might be and how they might be affected with our model.

6                We'll have hourly energy prices, so TransCanada  
7       operates in the New England Power Pool, which has a  
8       competitive marketplace. The hourly energy prices change  
9       daily and hourly, and so we'll have an energy series that  
10      we're going to be, essentially being able to evaluate to  
11      some extent how the model may dispatch our units, but also  
12      to some extent some of the economic impacts.

13              So that's about it on the energy model. In terms  
14      of our PM&E measures, at this stage of the game in our PAD,  
15      in our pre application document, we didn't really propose  
16      any changes than what we're doing there now. So we're  
17      proposing to continue our operations the same way we have  
18      been, which include all the operational constraints that are  
19      going on now, whether they be minimum flows or reservoir  
20      operation restrictions; high water procedures, minimum  
21      flows, et cetera.

22              We did conduct some pre-scoping studies, and  
23      these are studies that we consulted with the agencies; have  
24      to come up with a study design. But primarily, this is  
25      around developing baseline water quality information, and

1       that water quality information will be relative to both the  
2       impoundment and the discharges below Bellows. So we had  
3       continuous monitoring going on above and below the dam as  
4       well as impoundment, water profiles in addition to  
5       temperature and DO, we were monitoring some of the nutrient  
6       elements such as nitrogen; and there were a number of  
7       others. But these were basically specified to us by either  
8       the New Hampshire DES or Vermont Department of Water,  
9       Environment and Conservation.

10               The based on water quality assessment report will  
11       be available again shortly; it will be on the website again  
12       under our public information library.

13               MS. DROUIN: My name is Donna Drouin, I'm from  
14       Walpole and I am a member of the Connecticut River Joint  
15       Commission also; I'm a commissioner.

16               Just a follow up question for this gentleman,  
17       which impacts on the next section, I believe, aquatic  
18       resources. I notice that you are including cumulative  
19       effects from the operation of the Vermont Yankee plant; I'm  
20       speaking specifically to temperature. I think the current  
21       reg, quality down in that area is 85 degrees maximum for the  
22       summertime, and we look forward to the aquatic issue section  
23       here.

24               I wonder, isn't that quite high to maintain some  
25       of those species we'd like to see in that part of the river?



1                   MR. SEARS: Hi, again, I'm Mike Sears with FERC.  
2                   Aquatic resource issues we identified are effects  
3 of project operations and maintenance, including  
4 fluctuations in water levels and flow releases on aquatic  
5 habitat and resources in the project vicinity. For example,  
6 resident and migratory fish populations, fish spawning,  
7 rearing, feeding and overwintering habitats, mussels and  
8 macroinvertebrate populations and habitat.

9                   Effects of project facilities and operations,  
10 including reservoir fluctuations and generation releases on  
11 fish migration through and within project fishways,  
12 reservoirs, and the downstream riverine corridor.

13                   And also the effects of entrainment on fish  
14 populations.

15                   MR. RAGONESE: In terms of aquatic resources, we  
16 didn't have any specific studies that we proposed in our pre  
17 application document; again, awaiting study requests and  
18 issues to be brought to our attention through this process  
19 as well.

20                   In terms of PM&E or mitigation measures proposed,  
21 the only items we identified in the pre application document  
22 relative to that is that we expect to continue to be  
23 operating our fish passage, both upstream and downstream at  
24 Bellows Falls going forward. We did conduct some pre-  
25 scoping studies that are associated with aquatic resources.

1

2

In particular, we conducted a fairly thorough dwarf wedgemussel survey, which is a federally endangered species; we looked at both the impoundment and downstream affected reaches of the Bellows Falls project, and then in terms of plan studies, again we're awaiting results of the study requests, going forward.

3

4

MR. SIMS: I'm Norman Sims from the Appalachian Mountain Club. I just want to ask John Ragonese a question.

5

6

As a casual meeting this afternoon, along the highway that runs into New Hampshire down below the power station, we met a guy who pointed out that there were two bald eagles in the trees, and we could look at those. And during the course of conversation he mentioned that at one point the power company dried up the river in the spring and the walleye spawning grounds immediately below the station was dried up and destroyed for that year.

7

8

I just wonder if that is hearsay, a myth? John, do you have any recollection of complaints about that?

9

10

MR. RAGONESE: (off mic) First of all, I have no information that would corroborate -- so I don't know. Was that this year? I don't know.

11

12

We don't dry the river up; we've had minimum flows since the Seventies. I can't comment on some --.

13

AUDIENCE: I got the impression from the

1 gentleman who was speaking with us that it had been an  
2 ongoing problem for a while. We spoke to him for nearly  
3 half an hour, and he was extremely knowledgeable about the  
4 river; was fishing it regularly knew -- a tremendous amount  
5 of knowledge which he tried to impart to us in a very short  
6 period of time, knowing that we were coming to this meeting.

7 Now this isn't really our issue; we're just  
8 passing it on to you. It seemed to be an issue of  
9 substantial concern. We're only here to help.

10 MR. RAGONESE: And I thank you, but I don't  
11 really know what he's talking about. We have a minimum  
12 flow, and report all minimum flow violations to FERC. I  
13 can't think of one at Bellows; if it did, it would probably  
14 be because of an equipment failure or some kind of a un--  
15 it certainly isn't anything that is routine, much less  
16 anything I can recollect.

17 MR. HOGAN: Mic.

18 MS. DROUIN: Donna Drouin once again. I wonder,  
19 just on raw recollection, could he have been referring to  
20 the backwater up off, on the east side of Route 5 on the  
21 north side of Rockingham -- excuse me, north side of Bellows  
22 Falls Village? I recall that backwater area went dry, and  
23 there is an eagle patridge (ph) just above that location.

24 Could it possible it was a nest?

25 AUDIENCE: It was below the power station.

1                   MR. SIMS: Well, that brings up a couple of  
2 things about flow and drawdown. Altering reservoirs in this  
3 reach of river, the drawdowns haven't been reviewed for some  
4 30 years; and I for years have heard concerns voiced by  
5 anglers in the area that in fact in the spring, redds are  
6 dewatered. And so a survey of spawning habitat within the  
7 reservoir might be helpful.

8                   Fish passage, which John touched on, none of the  
9 PADs have anything in there for responding to the need of  
10 American eels to get back upriver, and resident fish, now  
11 that we're not, supposedly not concerned about salmon any  
12 longer.

13                   And then flows, you conducted a survey of dwarf  
14 wedgemussel, but are there other mussels and other aquatic  
15 species that need more wetted areas downstream of the dams?  
16 And it's the same issue that the minimum flows haven't been  
17 looked at in 30 years. Now I know you comply; I've spent  
18 enough time on the river to know that, and then establishing  
19 best seasonal migration flows for diadromous and resident  
20 fish up and downstream would be worth again taking a look at  
21 on the flows that haven't been evaluated in 30 years.

22                   MR. RAGONESE: Let me just make one quick  
23 clarification.

24                   MR. HOGAN: Please.

25                   MR. RAGONESE: John Ragonese. Regarding the eel

1 survey, the dwarf wedgemussel is important. It was  
2 primarily focusing on the federal Endangered Species, but  
3 there were state-listed species that we also we're looking  
4 for, and just species of concern. So there's other mussel  
5 information in there; it's really a freshwater mussel  
6 survey. It's primarily driven by the invasive species  
7 aspect. There is more information.

8 Good point.

9 SPEAKER: And also that second bullet for SD1 I  
10 think was general, the attempt was to be general, to kind of  
11 cover those spawning issues and habitat for fish below the  
12 dam and in the reservoir.

13 MR. HOGAN: Well, we do appreciate adding some  
14 specificity for us.

15 Other comments about fisheries or aquatic  
16 resource issues or concerns? Compliments? Fish passage?  
17 No.

18 Moving on to terrestrial resources.

19 Terrestrial Resources

20 MR. BATTAGLIA: Brett Battaglia with FERC. I'm  
21 on Section 4.2.4, page 25, Terrestrial Resources. Initial  
22 issues identified thus far include effects of project  
23 fluctuations in water levels and flow releases from the  
24 projects on riparian wetland and the littoral vegetation  
25 community types, and the spread of invasive species as a

1 result of project operations along the shoreline of the  
2 projects.

3 Effects of project operation and maintenance  
4 activities; for example, road and facility maintenance and  
5 project-related recreation on wildlife habitat and wildlife.

6 Effects of project operation and maintenance on  
7 riverbank integrity and shoreline erosion along the project  
8 reservoirs and stream reaches and its potential effects on  
9 riparian vegetation.

10 The effects of the frequency, timing, amplitude  
11 and duration of reservoir fluctuations on waterfowl and on  
12 riparian and wetland habitats.

13 The effects of project operation and maintenance  
14 and project-related recreation on bald eagles and their  
15 habitat.

16 MR. RAGONESE: Regarding terrestrial resources,  
17 in the pre application document we did not identify proposed  
18 specific studies at that time, when we developed a PAD or  
19 pre application document, nor did we identify proposed  
20 mitigation enhancement measures.

21 As I mentioned before, we had done a shoreline  
22 survey, a shoreline survey in addition to identifying areas  
23 of erosion; also identified wetlands, confirmed wetland  
24 inventory maps, identified riparian vegetation types,  
25 including identification of invasive species.

1                   And as I mentioned earlier, we performed the  
2 rare, threatened and endangered species -- this is primarily  
3 plants; and in doing so, we identified to some degree the  
4 habitat and the vegetation types where those species  
5 occurred, as well as identified whether or not there was  
6 project operational impacts to the species location  
7 themselves.

8                   MR. HOGAN: Any questions.

9                   MR. McCLAMMER: Thank you. Again, my name is Jim  
10 McClammer, I'm a resident of Charlestown, a commissioner on  
11 the Joint River Commission, and also a natural scientist in  
12 New Hampshire. And I was at a meeting, an annual convention  
13 on Friday down in Carver (ph). The subject of that meeting,  
14 the all day session was flood plains environments, and a lot  
15 of the folks were on the Connecticut River here.

16                   I'm also a wetlands scientist, and I'm cognizant  
17 of the fact that the mapping, the level of detail is  
18 important these days in terms of showing where the resources  
19 are on a map, a site plan.

20                   My first question is, have the flood plain  
21 communities been mapped and to what scale have they been  
22 mapped in the reach of the river that's affected by the  
23 Bellows Falls Dam?

24                   MR. RAGONESE: The question is, have we mapped  
25 them?

1 MR. McCLAMMER: Yes, and at what scale.

2 MR. RAGONESE: The flood plains have not been  
3 mapped in our shoreline survey. My understanding is there  
4 are some flood plain identification work that was done by  
5 folks like the Nature Conservancy in Vermont; I don't know  
6 about New Hampshire. There are some other resources besides  
7 this that I'm sure have identified flood plain --

8 MR. McCLAMMER: To be clear, I'm interested in  
9 sort of flood plain communities. Specifically, in this  
10 reach of the river up in, the Little Sugar River, that area,  
11 we have --

12 MR. RAGONESE: We have not.

13 MR. McCLAMMER: -- probably the most expanse of  
14 rather rare community is dominated by sycamore trees. I  
15 think it's important to map these things, show them on a  
16 plan; and not only do we want to show the flood plain  
17 communities, but probably where the flood plains are,  
18 whether it be 100 year or 500 year.

19 MR. RAGONESE: Yes. It does bring up a point,  
20 that when we get some of our rare, threatened and endangered  
21 species, we do have -- especially in the Bellows Falls  
22 project, we do have land that we own that extends outside of  
23 the immediate effects of project operations, be it reservoir  
24 or flow. And those haven't been surveyed yet; we intend to  
25 survey those other areas; but haven't done as part of the

1 scope of this one that we have just completed.

2 So to some extent they are going to encompass  
3 some of those flood plain backwaters and back areas as well  
4 that are not necessarily hydraulically connected. Most of  
5 the setbacks are, but there are some terrestrial areas that  
6 have not been surveyed that will be --.

7 MR. McCLAMMER: I guess the baseline surveys are  
8 important for these communities, and probably we should go  
9 up the reaches, these tributaries on the Connecticut River,  
10 further than probably may have been done in the past,  
11 because we do anticipate this increase in frequency and  
12 intensity of severe storms, we're likely to get flooding up  
13 these tributaries to the extent that we haven't seen in the  
14 past, and these are where some of the rarer communities are;  
15 and also where a lot of these invasive species such as  
16 Japanese bamboo occurs. This reach of the river, you go up  
17 and down, you see the Japanese bamboo in all the  
18 tributaries.

19 But the next question is really having to do with  
20 the wetlands that you've said you have mapped, or are you  
21 just relying on the NWI map of wetlands along this area?  
22 Have you actually gone out physically and done to some  
23 detail, mapped the wetlands that are within the flood plains  
24 and adjacent to the Connecticut River?

25 MR. RAGONESE: We did not rely just on the

1 National Wetland Inventory survey. What we did, we tried to  
2 corroborate the location of those on their maps with what we  
3 found in the field; and in addition, map some additional  
4 wetland community types that were observed primarily along  
5 the operating shoreline. We did not look at tributaries, we  
6 did not go into some of the terrestrial essentially  
7 backlands that might have some hydrologic connectivity to  
8 the river, but not an immediate, direct hydrological  
9 connectivity such as a culvert or a bridge or something like  
10 that.

11 So there could be additional wetlands that have  
12 not been mapped, but the ones that are easily adjacent, that  
13 are affected by our project operations we did try to capture  
14 in this baseline survey.

15 MR. McCLAMMER: I guess again, and I ask, where  
16 that's resource, where's the map that we can look at to see  
17 if indeed there may have been major areas that have been  
18 neglected?

19 MR. RAGONESE: The report is on line, but it  
20 primarily focuses on some of this erosion -- summary. The  
21 rest of the information are basically GIS layers; we're  
22 trying to figure out how to best be able to disseminate  
23 that. And our plan is to post on our website a published  
24 map file which will basically be a viewer of GIS  
25 information. And other than that, there is not a server

1 around that will allow you to post this GIS information,  
2 because of all are primarily photographs. But most of the  
3 other layers we're going to try to get on.

4 So if you're interested and you can't get it,  
5 I'll be more than happy to figure out how we can get you the  
6 information.

7 MR. HOGAN: Jim, I've got a question for you.

8 MR. McCLAMMER: Sure.

9 MR. HOGAN: You've raised a couple of points that  
10 I'd like clarification on. You've mentioned sycamore and  
11 Japanese bamboo. Can you enlighten us on what the issues  
12 associated with Japanese bamboo and sycamore are?

13 MR. McCLAMMER: Well, sycamore, the Latin name is  
14 *Platanus occidentalis* basically; the flood plain species,  
15 and the northernmost extense of that species actually occurs  
16 around Charlestown, just slightly further north. So  
17 basically it's the northernmost extension of that community.  
18 And it's within the flood plain area, and in fact the mouth  
19 of the Little Sugar River, for example, is where we have  
20 some of that community; and that's one of these areas that  
21 have been inundated by the impoundment of the water at the  
22 reservoir.

23 When it comes to nuisance species or invasives,  
24 one of our biggest problems along the Connecticut River,  
25 this reaches is the Japanese bamboo --

1                   AUDIENCE: Or knotweed.

2                   MR. McCLAMMER: -- or knotweed, Polygonum  
3 cuspidatum if you want a Latin name for it. But it's  
4 Japanese knotweed; there's a lot of different common names  
5 for it. But if you walked around here anyplace, you'd come  
6 across, and it's very hard to get rid of once you have it.

7                   The other thing is, and actually I've been  
8 involved in a number of studies on invasives and what  
9 encourages their colonization of areas, and these are done  
10 down in Massachusetts, for example, where there are water  
11 withdrawals on large ecosystems and what impact it has.

12                   What we have found is that basically lowering the  
13 water table for a little while basically provides an  
14 opportunity for other invasives such as purple loosestrife  
15 to take foothold. And once they get in, even when you raise  
16 the water level back up, we can't exterminate the stuff once  
17 it gets in.

18                   So the fluctuation of water has a lot of impact  
19 on allowing invasives to come in; and now compete with  
20 natural species. And so these are of some concern.  
21 Ideally, I'm a map person, I always like to see where these  
22 things are on the resource and then find out what impact at  
23 the water levels that you're going to be fluctuating,  
24 whether you're inundating it or whether you're like lowering  
25 it for a period of time, and how long these withdrawals or

1 inundations occur are very important to the flood plain  
2 communities.

3 I know the Nature Conservancy is doing some of  
4 this work down in Massachusetts and they're doing some up at  
5 the headwaters. But for this reach of the river, I don't  
6 know of any actual research that is going on, so it's a void  
7 that's in the knowledge base, I believe.

8 MR. HOGAN: So in summary, to make sure I capture  
9 this correctly and understand it --

10 MR. McCLAMMER: I would say that it would be  
11 nice--

12 MR. HOGAN: No, let me repeat what I heard so  
13 that I make sure that I understood it correctly. We have  
14 some unique species of sycamore at the northern end of the  
15 range that we ought to see if they're -- what habitats they  
16 are occupying and try to protect them as appropriate. We  
17 also know of multiple invasive species that we ought to be  
18 trying to document, investigate their presence of and  
19 communities of in evaluating the potential project effects  
20 on those communities, or establishment of additional  
21 invasive species.

22 Is that in a nutshell?

23 MR. McCLAMMER: I think that's two of the key  
24 points; one being the flood plain communities dominated by  
25 unusual species; number two being invasive; and number three

1 really is those wetland communities that are actually just  
2 jurisdictional wetlands. As you know -- well, you may not  
3 know -- they're waters of the U.S. And we're playing with  
4 the idea now of trying to figure how to put standards on  
5 these for anti-degradation, so indeed water fluctuations on  
6 any wetland community has the potential of having it  
7 destroyed or somehow or other impacted or -- the composition  
8 of the species change, which would probably be ultimately  
9 where we're going to be going in terms of how do we, what  
10 are the water quality standards we're going to be applying  
11 to these terrestrial-wetland communities for lack of a  
12 better word, but ones that are dominated by trees or shrubs  
13 or emergent species.

14 And indeed, without good mapping of these  
15 communities, we don't know what effect that you'll have on  
16 the communities by water patrols. And indeed, when we ever  
17 get it sorted out as exactly what the standards are going to  
18 be for these sorts of communities. I expect it will be  
19 happening soon, because I was also sitting on a water  
20 quality standards advisory committee for New Hampshire, I  
21 was also in the state legislature for a while and chair of  
22 that committee, so I've gotten involved in the water quality  
23 standards; I know it's mandated that indeed we have to come  
24 up with these standards for wetlands.

25 So when they're there, you basically -- where you

1 get your water quality certification have to make sure that  
2 you're not going to have a negative effect, this anti-  
3 degradation on these wetland communities.

4 MR. HOGAN: Thank you.

5 MR. McCLAMMER: Thank you.

6 Jan?

7 MS. LAMBERT: Yes. We're still on terrestrial  
8 resources, is that right?

9 MR. HOGAN: Yes.

10 MS. LAMBERT: I'm having a very difficult time  
11 sorting these very -- anybody who knows anything about  
12 ecology knows it's all about, everything's connected. So I  
13 guess I just want to go back and revisit Great Meadows,  
14 which is the area I was talking about earlier, that we had a  
15 -- we actually had this buffer zone project in two areas; it  
16 was a Lower Meadows and then Great Meadows came the next  
17 year.

18 Great Meadows is a very significant area; it's  
19 356 acres, it's probably one of your largest single pieces  
20 of property along the river, and it encompasses -- it's a  
21 complicated area because it encompasses wetland, cornfields,  
22 hay fields, a large brook, a sheer riverbank where there's  
23 always been severe erosion.

24 Some of the things I want to ask and bring up,  
25 one point I want to make about, from canoeing on the river

1 for many, many years is that those eroded steep banks are  
2 not necessarily a wasteland; they're home to large colonies  
3 of bank swallows and kingfishers, so we have to remember to  
4 balance that with our concerns about erosion.

5 And the other kind of question I have is about,  
6 if you're getting into your impacts -- I know this is kind  
7 of getting into the next session about species, but there's  
8 a number of species that I've documented down in that area  
9 that are not officially threatened or endangered federally,  
10 but they're on file with the State of New Hampshire; they  
11 were very glad to get my reports. One of them had to do  
12 with the Northern Leopard Frog, and that's very, very rare  
13 in this area, and I've been asked to try to keep track of  
14 it. I did document it, and Jim mentioned about the flood  
15 plain forest; that's where these frogs live.

16 So even though it's not a federally endangered  
17 species, it is of concern to the State of New Hampshire. So  
18 I was wondering whether you were in contact with the State  
19 of New Hampshire as far as what their wildlife concerns  
20 might be over on this side. They have a saying, 'Let's keep  
21 common species common. Let's not wait until they're almost  
22 extinct before we take some actions, when we could be doing  
23 things to species that are having troubles. They're not  
24 federally-threatened or endangered yet.

25 MR. HOGAN: Actually, we have been in contact

1 with the state and I believe TransCanada has also, State of  
2 New Hampshire, as well as Vermont and Massachusetts. We had  
3 a public meeting earlier today, this morning at 9 a.m. that  
4 New Hampshire DES and New Hampshire Fish & Game were both  
5 present as well as the Fish & Wildlife Service. Leopard  
6 frog didn't come up, Northern Leopard Frog didn't come up.  
7 So thank you. And John, you had something you wanted to  
8 add?

9 MR. RAGONESE: Yes. That's a good distinction I  
10 want to make. When I speak to our surveys of where  
11 threatened and endangered species, these are not necessarily  
12 federal; they're state species from both New Hampshire and  
13 Vermont. And we have not -- we've done the plant aspects;  
14 we have not done animals, bugs, birds --

15 MS. LAMBERT: I guess what I'm saying is I have  
16 some information I could share with you. You know, I've  
17 been trying to get somebody to pay attention to this for the  
18 last ten years.

19 MR. HOGAN: You just found a venue.

20 MR. RAGONESE: I think that --

21 MS. LAMBERT: Yes, okay.

22 But like I said, everything kind of overlaps. I  
23 mean, for instance you're talking about management of  
24 wetlands right now. I see some wetland situations, but I  
25 don't see any reference in here; you referred to project-

1 related recreation on your second statement here on wildlife  
2 habitat and wildlife. You don't seem to be mentioning  
3 anything about the agricultural impact. I don't really see  
4 anything in your whole listing about the fact that the vast  
5 majority of your lands are being actively farmed. And I'm  
6 just wondering, when is the appropriate time to be  
7 discussing those impacts?

8 MR. HOGAN: Right now. We're here to find out  
9 what we missed.

10 MS. LAMBERT: Okay. Well, to get back -- I mean,  
11 this is the area that I know well, this Great Meadows.

12 MR. HOGAN: Can I ask you a clarification?

13 MS. LAMBERT: Yes.

14 MR. HOGAN: Geographically, where is Great  
15 Meadows located?

16 MS. LAMBERT: It's directly south of the town of  
17 Charlestown; it's quite visible because our water treatment  
18 plant -- I mean, our sewage treatment plant is right at the  
19 northern end of it.

20 MR. HOGAN: As in the Bellows Falls impoundment?

21 MS. LAMBERT: Absolutely, yes. And this is over  
22 a mile of shoreline that had a buffer zone.

23 What I wanted to bring up previously was, the  
24 good thing about this buffer zone project, and I wanted to  
25 encourage you to look into establishing similar buffer zones

1 along similar cornfields. And again we have photos showing  
2 how the cornfield was cultivated almost to the very edge of  
3 the riverbank. I couldn't believe these farmers were  
4 actually driving their tractors with this undercut, sandy  
5 bank; but they were doing it, and now there's a buffer zone  
6 there.

7 But we do have concerns, and I'm not quite sure  
8 if this is something for FERC or if this is just something  
9 for TransCanada to handle, about the way we had a buffer  
10 zone arrangement now; it's being infringed on by the  
11 agricultural practices going on.

12 MR. HOGAN: Who is the arrangement with?  
13 TransCanada, or is it a requirement of a license, FERC  
14 license?

15 MR. RAGONESE: It is FERC. We don't have an  
16 agricultural requirement or a lease requirement or anything  
17 like that. I would say that we are reviewing a lot of our  
18 agricultural, private partnerships on our land. And in  
19 going forward, I can tell you that one of the requirements,  
20 going forward, of all agricultural use partners will be to  
21 maintain a buffer of native vegetation or natural  
22 vegetation, and not be able to cultivate -- we're thinking  
23 of at least a minimum -- say 50 feet, 100 feet is what we're  
24 looking for for a buffer along --

25 MS. LAMBERT: Keep in mind that we started out

1 with 150 feet, and we're probably down to 100 feet now.  
2 Because we started out with 150, and I think we may be down  
3 to 100 in some places now just because it takes decades to  
4 have anything take root enough to slow down the constant  
5 erosion.

6 MR. RAGONESE: We are required -- I mean, I think  
7 we're trying to find the right metric; I mean our  
8 recommendations that come out of those states; I think the  
9 state's recommendation is 50, we've read. So I'm not sure  
10 what we will end up with, but we are going to require  
11 something in all of our partnerships.

12 Now obviously there's a lot of private  
13 agricultural use along the reservoir as well which we have  
14 no control over.

15 MS. LAMBERT: I'm speaking of the lands that you  
16 basically lease for a dollar --

17 MR. RAGONESE: Correct.

18 MS. LAMBERT: -- to farmers who have been doing  
19 it since about 1969, I believe. I think it's time to  
20 revisit that and take a hard look at these lands and find  
21 out which lands should be farmed and which should be  
22 converted to wildlife habitat. Because they're trying to  
23 farm wetlands right now; I mean, it needs to be looked at.

24 So I'm not sure who needs to be looking at it,  
25 but.

1 MR. HOGAN: We will be.

2 MS. LAMBERT: Yeah, okay.

3 Is this an appropriate place to talk about land  
4 use on the following page? It sounds like -- yes.

5 MR. HOGAN: You are right, there's a lot of  
6 interrelated issues, so.

7 MS. LAMBERT: Okay. Well, I don't want to hog  
8 this thing, so.

9 MR. HOGAN: Any other comments on terrestrial  
10 resources?

11 We've got a question from Staff.

12 MR. BATTAGLIA: I have a question for Mr.  
13 Ragonese really quick, just a verification, sir?

14 MR. RAGONESE: Sure.

15 MR. BATTAGLIA: The shoreline inventory that is  
16 currently on TransCanada-Relicensing.com, I can find the  
17 shoreline inventory that will also allow Jim to see the  
18 currently mapped wetlands --?

19 MR. RAGONESE: No, the map is not on. We're  
20 trying to identify the best -- I mean, it's basically a lot  
21 of GIS information.

22 MR. BATTAGLIA: I totally understand. I just  
23 wanted to --

24 MR. RAGONESE: A lot of the information are in  
25 photographs. We're trying to sort the photographs off so

1 that it won't take down everybody's server, and so we tried  
2 to download this. And then try to figure out what the best  
3 format would be. We're focusing on developing a published  
4 map file so the public will be able to at least access a  
5 free software, to be able to view the mapping information  
6 without necessarily being a GIS expert. That's what we're  
7 trying to do. It isn't on the website yet; the summary  
8 report is on the website.

9 MR. BATTAGLIA: Thank you.

10 I have one question to a verification for Rachel.  
11 The Northern Leopard Frog siting or  
12 documentation, you confer, Miss, was in this Great Meadows  
13 area?

14 MS. LAMBERT: That's right.

15 MR. BATTAGLIA: And was that information  
16 submitted to the New Hampshire Fish & Game?

17 MS. LAMBERT: Yes.

18 MR. BATTAGLIA: Okay, thank you.

19 MS. LAMBERT: This is their reptile-amphibian  
20 reporting program they have open to the public.

21 MR. BATTAGLIA: Yes. Thank you.

22 MR. HOGAN: John?

23 MR. BRUNO: John Bruno. Having been involved in  
24 a number of shore-land protection permits for the State of  
25 New Hampshire, are you required to go through the same

1 process to get a shore-land permit that an individual would  
2 be if you were to look for a permit to do work within the  
3 250-foot buffer of the reference line in the river?

4 MR. RAGONESE: You're asking, is TransCanada  
5 required? Yes, absolutely.

6 MR. BRUNO: So you'll be required to go through  
7 the same amount of detail along the 250 foot buffer of the  
8 Connecticut River that I would be required to if I wanted to  
9 cut some trees along my property or to do something within  
10 my property? You're going to be required to go through the  
11 same amount of detail that I am; is that correct?

12 MR. RAGONESE: If -- I mean, I'm not exactly  
13 sure. If we are proposing an action, an undertaking of some  
14 sort, we are required to follow the same laws as you, unless  
15 FERC wants to preempt that.

16 Otherwise, we're - the same state laws and any  
17 federal laws are applicable to us as they are any other  
18 entity.

19 MR. BRUNO: If I may make a comment, it seems  
20 like you're having sort of logistic issues with showing like  
21 wetland polygons on your database. If you're mapping  
22 wetlands and you've got field data, that's refining --

23 MR. HOGAN: Can I get you guys to talk about this  
24 after the meeting?

25 MR. RAGONESE: Yes.

1 MR. BRUNO: Pardon?

2 MR. HOGAN: Can we discuss it off line?

3 MR. BRUNO: Oh, okay.

4 MR. HOGAN: Okay. Thank you.

5 Other terrestrial-related comments?

6 Okay. Threatened and endangered species. Mary?

7 Threatened and Endangered Species

8 MS. McCANN: Mary McCann.

9 So this is that Section 4.2.5 in the scoping  
10 document, and I've kind of summarized the three bullets into  
11 one.

12 Effects of project operation or maintenance  
13 activities including reservoir and downstream flow  
14 fluctuations on aquatic, wildlife and plant species listed  
15 as threatened or endangered under the federal Endangered  
16 Species Act.

17 MR. HOGAN: I know we've talked about a few of  
18 the threatened and endangered species already. Does anybody  
19 have specific comments regarding threatened and endangered  
20 species or their habitats and the project effects/

21 None? Okay.

22 Moving on to recreation. Adam?

23 Recreation, Land Use and Aesthetic Resources

24 MR. BEECO: So now we'll be covering recreation,  
25 land use and aesthetic resources. So I'll read through the

1       bullet points.

2                   Adequacy of existing recreation and public use  
3 facilities in meeting existing and future regional public  
4 use and river access needs. Effects of project operations  
5 on quality and availability of flow-dependent and water  
6 level dependent recreation opportunities including boating;  
7 adequacy of structural integrity, physical capacity and/or  
8 management methods to support recreation use at existing  
9 facilities. The adequacy of existing shoreline management  
10 policies and programs to control non-project use of project  
11 lands. Adequacy of shoreline buffers to achieve project  
12 purposes in compliance with local and state requirements.  
13 And at this time we have not identified any aesthetic  
14 resource issues.

15                   MR. RAGONESE: I just want to mention that part  
16 of the shoreline survey work we did, we did try to identify  
17 recreational resources, both public and private. A lot of  
18 that survey was done just beyond, or portions of that survey  
19 were done beyond the general recreation season of -- by fall  
20 we might have missed; people pulled up docks and things like  
21 that; but those are all in on the same GIS database.

22                   MR. HOGAN: Any comments on the recreation or  
23 recreational opportunities, recreation facilities made  
24 available? Jan.

25                   MS. LAMBERT: I'd like to, nobody's spoken about

1 Herrick's Cove yet, I guess, which is one of your prime  
2 recreational areas. I've been visiting that for several  
3 years. Those of us who are into birding know that it's a  
4 very important bird area, and many people go there to look  
5 for birds and other wildlife.

6 There seems to be a bit of a conflict between  
7 people who want to go and run their dogs and picnic and do  
8 sports; and I think it's a little bit overbalanced in favor  
9 of that kind of activity, whereas it is an important bird  
10 area and I think there, especially down towards the at this  
11 point, it might be nice to see more natural areas  
12 established over the years with native vegetation that might  
13 attract and help feed these many species of birds, many of  
14 which are rare birds that come to the area, especially  
15 during migration.

16 Also, it would be nice to see more, maybe a  
17 little better facilities for small boats rather than just  
18 catering more just to the larger boats. The put-in  
19 facilities tend to be kind of very eroded, and I guess it  
20 could be kept up better so that they're not always muddy and  
21 unkempt-looking.

22 MR. HOGAN: Just for clarification, when you say  
23 small boats, are you referring to --

24 MS. LAMBERT: Canoes and kayaks.

25 MR. BEECO: Are you still speaking about

1 Herrick's Cove specifically, or --?

2 MS. LAMBERT: Yes, because that's the only place  
3 I know of where the public is welcome to come in and put in  
4 boats. I can't speak to any other areas.

5 (Off mic discussion with audience member.)

6 MS. LAMBERT: Lower Landing in Charlestown is a  
7 boat landing? Oh. Well, I don't know about that one.

8 MR. DEMPSON: I'm Arie Dempson (ph) of the  
9 Bellows Falls Rotary Club.

10 MR. HOGAN: I'd actually like to ask one more  
11 question.

12 You mentioned better maintenance of existing  
13 facilities. Were existing facilities sufficient in their  
14 number? Or was that not part of the comment?

15 MS. LAMBERT: I'm sorry, I had a momentary memory  
16 lapse there. Yes, we have -- in Charlestown we have the  
17 boat landing. Yes, that's right, right in the southern part  
18 of town, right next to the wastewater treatment plant.

19 By the way, the Conservation Commission maintains  
20 a nature trail down the bank there, so we are -- we're  
21 showing that we can combine wildlife habitat with  
22 recreation, but it's a quiet kind of recreation; there's a  
23 lot of people out there that want to go someplace where it's  
24 quiet and not have to worry about people leaving picnic  
25 trash all over the place.

1                   I think there needs to be more done to control  
2 litter. I'm talking about Herrick's Cove also; the lower  
3 landing recreational area in Charlestown. A lot of people  
4 go down there to run their dogs. I like dogs but I don't  
5 think stepping in what they leave. I think it could be more  
6 active. I think it's getting to be more socially accepted  
7 not that you have receptacles for people to put dog waste  
8 in. Might be something. Getting into details here, but it  
9 can make a difference in the recreational quality of an  
10 area. Big difference.

11                   MR. DEMPSON: Thank you. The Rotary Club  
12 conducts one of its major fund-raising activities at  
13 Herrick's Cove late in September, and it involves the paddle  
14 battle where we put in small boats, kayaks and canoes. And  
15 we would certainly appreciate it if there were a better put-  
16 in constructed up there at the northern end of Herrick's  
17 Cove. Obviously it would be there year round, and it would  
18 provide a really wonderful resource for people who just want  
19 to get out on the river and enjoy it.

20                   The other thing, if we've got a sort of a wish  
21 list here, a number of organizations have meetings at  
22 Herrick's Cove in addition to the Rotary Club, and also the  
23 Mount Ascutney Audubon. And the construction of an open air  
24 pavilion, simple structure on a flat slab, whole barn  
25 construction, could be used by a number of organizations and

1 a lot of people; and it would just augment the recreational  
2 potential of what's really a wonderful area.

3 MR. HOGAN: Can we get you to repeat your name,  
4 please?

5 MR. ANDERSON: Eric Anderson.

6 MR. HOGAN: Thank you, Eric.

7 I recognize that -- I cut you off earlier, and  
8 that was my fault. So thank you.

9 MR. SIMS: I'm Norman Sims from the Appalachian  
10 Mountain Club, which is headquartered in Boston and has  
11 about 90,000 members in New England. It's the largest  
12 conservation and recreation organization in the Northeast.

13 I want to follow up on a couple of things that  
14 have been said, and I want to repeat some things I said at  
15 this morning's meeting, because there didn't seem to be  
16 anybody there from Bellows Falls.

17 Concerning the canoe launch sites, I think all up  
18 and down the river, most of the boat launch sites are made  
19 for motorboats, trailer vehicles, and they're not  
20 particularly useful for canoes and kayaks; and I hope that  
21 in some recreation study we can look at different kinds of  
22 facilities that can be provided for canoes and kayaks. I  
23 happen to own a wooden canvas canoe, and they don't work  
24 well on those concrete ramps.

25 I want to suggest a couple other studies that I

1 mentioned this morning, and pardon me for repeating this.  
2 But I felt that people in this room might have more interest  
3 in it than the ones this morning.

4 First of all, for Adam, we have identified an  
5 aesthetic problem, which is in the dryway of the Bellows  
6 Falls reach; it's a three-quarter mile dewatered section,  
7 has no minimum flow in it, and it's the natural riverbed.  
8 It's in clear view of a number of roads, and I think that's  
9 an aesthetic problem.

10 Concerning that same reach, and many of you are  
11 familiar with that, it's from immediately below the dam,  
12 goes around a corner underneath a railroad bridge, past the  
13 Vilas Bridge which is now closed, and continues another  
14 quarter mile or so to the, to rejoin the river that's  
15 watered.

16 The Appalachian Mountain Club would like to have  
17 a study done of using that reach as a whitewater park with  
18 controlled releases from the dam to provide whitewater  
19 recreation. We think this would be of enormous economic  
20 benefit to the community, and we suggest that a professional  
21 company that designs whitewater parks should be hired to  
22 evaluate that opportunity.

23 We have a couple other interests, as well. We  
24 think that offsite mitigation should be provided because of  
25 the loss of Bellows Falls, basically. There is a new

1 National Blueway System in this country; the Connecticut  
2 River and its watershed was declared the first National  
3 Blueway River. It includes all the tributaries and the  
4 watershed, and there may be an opportunity to provide  
5 whitewater recreation and some of those tributaries;  
6 recreation which is lost because of the continuing existence  
7 of the dam.

8 There's been a number of things said about  
9 particular facilities in the Bellows Falls project lands and  
10 elsewhere. The AMC has an interest in a study of all of the  
11 facilities on the river; the quantity, quality and adequacy  
12 of all of the boat facilities associated with the river,  
13 including facilities for canoeing and kayaking, portage  
14 routes, campsites, parking and road access, seasons of  
15 operation, maintenance and sanitary facilities; and this  
16 study should look at the next 30 years and the projected use  
17 of those facilities.

18 The Connecticut River Paddlers Trail folks are  
19 very interested in this; I'm particularly concerned about  
20 the portage at Bellows Falls. Of all the portages on the  
21 dams that are currently up for relicensing, it's the second  
22 worst. The worst is at Turners Falls where there is no  
23 portage. The Bellows Falls portage is one and a half miles,  
24 and for probably a mile of that it follows that high speed  
25 highway in New Hampshire along the river. What route

1 number is that?

2 AUDIENCE: Twelve.

3 MR. SIMS: Twelve? It's a 50 mile an hour speed  
4 limit. Tom and I stood out there for close to an hour today  
5 while the school buses and the trucks went by. I would not  
6 want to have had a boat with me at that time; it seems very  
7 dangerous. inherently dangerous to me. And something needs  
8 to be done with that. I don't know what it is, but perhaps  
9 that could be studied as part of this process.

10 There are many opportunities to do multiple day  
11 canoe trips, including overnight camping on the Connecticut.  
12 A recreation study should examine the opportunities to do  
13 that and what gets in the way. I think the portages get in  
14 the way, the lack of campgrounds get in the way, and this  
15 comes from talking to people who've tried to do through  
16 paddling on the river; and we think that that's something  
17 that FERC should study and that TransCanada should study as  
18 part of this relicensing.

19 MR. HOGAN: Tom?

20 MR. CHRISTOPHER: Thank you. I'm Tom  
21 Christopher, I represent New England FLOW and American  
22 Whitewater, and I ask your indulgence for those who have  
23 heard me speak this morning.

24 I have to concur with my colleague, Norm Sims.  
25 The Bellows Falls project is a .7 mile diversion that

1 reduces instream flows completely except for some leakage.  
2 Any natural boatable flows under the flood spillage are  
3 inaccessible, they're high, they're flashy, they're  
4 unpredictable, and they're really only available during  
5 periods of season high spillage due to flooding.

6           Near the bottom of the reach, there's a Moorehead  
7 (ph) that was installed to prevent salmon from moving up  
8 into that bypass reach, that makes paddling extremely  
9 hazardous. We'd like to see that particular structure  
10 removed. The site would be a very good location to develop  
11 a whitewater park, and even in moderate flows, the run could  
12 be used by canoeists and kayakers for surfing and acrobatic  
13 tricks, so on and so forth.

14           As a bit of an aside, some of you will recall, we  
15 had an additional colleague with us this morning who had  
16 made some comments, Bob Nasdorf, who also worked for  
17 American Whitewater, but had never seen this bypass reach.  
18 And when we brought him down there this afternoon for a  
19 tour, he was absolutely ecstatic about the potential that  
20 could be achieved in building a whitewater park.

21           One of the difficulties at this particular site  
22 is public access. Directly below Bellows Falls there's  
23 currently no formal public access or parking for boaters or  
24 canoeists. And in order to put in to the whitewater rapids  
25 that exist now or that would be constructed as part of a

1 whitewater park, boaters would have to descend a very steep  
2 slope, and it's studded with large boulders from -- adjacent  
3 to a very heavily trafficked roadway.

4 We did some additional exploring today and we  
5 identified at least one other access area downstream that  
6 certainly could serve as a starting point for organizing  
7 boaters and their gear, and even though that would be the  
8 finishing point, it would be a simple issue of shuttling  
9 these people back and forth up to the beginning of a  
10 whitewater park if it could be constructed.

11 The diversion around the dam has significant  
12 negative recreational impacts and related socioeconomic  
13 impacts. By building a whitewater park within the project  
14 lands of this bypass reach, there is an enormous amount of  
15 potential to create a new tourism product for this region.  
16 And after driving through Bellows Falls, it's a lovely  
17 community, but like many communities throughout the  
18 Northeast, anytime that you can bring in additional  
19 revenue, all the businesses that are in that community are  
20 going to benefit.

21 Part of this economic analysis, we would like to  
22 see, as I expressed this morning, the use of a contingent  
23 valuation study, and as I also indicated to you this  
24 morning, there are a number of very successful projects all  
25 around the United States. I'll just list a few.

1 Charles City, Iowa; Iowa City, Iowa, South Bend,  
2 Indiana, Springfield, Ohio, Yorkville, Illinois, Petoskey,  
3 Michigan. And on and on and on. So we think that the  
4 development of a whitewater park in this particular bypass  
5 reach would provide enormous recreational potential; it  
6 certainly would provide a great deal of diversity for this  
7 area, and certainly would also provide an economic stimulus  
8 for the community of Bellows Falls and the surrounding  
9 communities. Thank you.

10 MS. DROUIN: Donna Drouin again, Walpole.

11 I'd like to speak to 428 through 4210, and along  
12 with some of the same messages as the gentlemen from the  
13 recreational community have discussed.

14 The area of the river that they've talked about  
15 is one of the saddest, most forgotten reaches of the river  
16 that exist. And what's ironic about that, it is one of the  
17 most culturally and historically rich section of the river;  
18 and we can go back to the beginning of human habitation  
19 there. A long, hundreds if not thousands of years before  
20 European settlement in this part of the world. Native  
21 American tribes, in succession, lived there and called this  
22 The Great Falls of the Beautiful River. And you can see as  
23 they've described what we've done to this beautiful section.

24 Unfortunately, TransCanada's facility there sits  
25 in a very sad-looking location as far as the human

1 landscape, and the stretch of the river if not sad could  
2 even be described as shabby. There's a lot of potential  
3 here any way we look, and then of course you can't even get  
4 to the TransCanada facility directly anymore, because the  
5 economic situation in the country and the state is that  
6 we've got a historic but also shabby and dilapidated bridge  
7 that crosses the river at the place where the first bridge  
8 crossed the river in its whole 400-plus mile length back in  
9 the 1700s, Mr. Hale's bridge. Which made him a national  
10 architect for the design of that bridge.

11 So the sky is the limit on what could be done in  
12 the reach of the Bellows Falls Dam. And if TransCanada can  
13 help the Northeast, the River, New Hampshire, to start  
14 correcting that, whether it's an aesthetic, socioeconomic or  
15 cultural resource question, it's all right there. Thank  
16 you.

17 MR. FOX: Gary Fox, a Bellows Falls resident and  
18 a member of the Rockingham Conservation Commission.

19 I'd like to add to the request for a recreational  
20 study. At the Conservation Commission, we've heard  
21 testimony on trail systems and have also worked with  
22 Westminster Conservation Commission on trail connectivity.

23 Right now along the riverfront just south of the  
24 power plant, there's a Bellows Falls historic water park and  
25 trail system that's being developed in conjunction with the

1 EPA, pretty much all along the river to the north and south.  
2 There's trail systems that are lacking in connectivity,  
3 there's a -- a byways itinerary that's being developed, and  
4 along with that there's trails all along the Connecticut  
5 River byway that have been identified in various studies,  
6 but that have not been -- that need some further work in  
7 terms of connecting them from region to region.

8           Some of it is -- some of it is around Herrick's  
9 Cove and north, and I guess connecting those trails -- part  
10 of the whole recreational system with the camping and the  
11 water use would fit well with the trail system. And in  
12 terms of the aesthetics, the other side of that reach,  
13 what's created that reach, the canal is kind of a sore spot  
14 aesthetically in terms of a view from the downtown or from  
15 the island. One side of it has a really nice cast iron  
16 fence that was developed I think in conjunction with you  
17 folks with a downtown development organization; the other  
18 side is chain link fence, and the cement walls all along it  
19 are kind of old, crumbling. The bridges over it have  
20 crumbling cement and pieces of bridge substructure hanging  
21 down over the canal.

22           So I guess in short, all of those aspects would  
23 fit well in a recreational study that you gentlemen have  
24 brought up, and the Walpole lady as well.

25           MR. HOLMES: Richard Holmes, Charlestown

1 Conservation Commission.

2 First of all, I'd like to commend TransCanada for  
3 having, posting their wildlife festival one weekend in May  
4 that they've done for several years. This has taken place  
5 in Herrick's Cove, and it's always a great event.

6 Under land use, several years ago, Ken Alton, who  
7 at that time was the TransCanada public relations person,  
8 came to talk to us in regard to, we were interested in  
9 conservation easements on the land in the Great Meadows and  
10 the Lower Meadows. And at that time he said, "When it comes  
11 time for relicensing, bring this up." So I don't know if  
12 that's something that we would do directly or whether that  
13 can be made part of the license, or how that would work.

14 MR. HOGAN: Are there specific recommendations  
15 for conservation easements that you would like to see? Or  
16 just in general more conservation easements?

17 MR. HOLMES: Well, in particular, those two  
18 areas; the Great Meadows area and the Lower Meadows;  
19 basically the farm land that's involved in those two areas.  
20 They're in the natural resource inventory; you'll see them  
21 as areas that were defined as hot spots where we should be  
22 interested in conservation of the land. And both of these  
23 areas are, I believe they're called -- but they are  
24 presently prime farm land.

25 MS. BEALS: Alma Beals, Ascutney Mountain

1 Audubon. And I'd like to follow up on what he just said  
2 about the Herrick's Cove wildlife festival. That was  
3 started by the Ascutney Mountain Audubon 14 years ago, and  
4 we've always had full cooperation from TransCanada or the  
5 other predecessors. And we're now bringing in like 2500  
6 people to that; it's on the first Sunday of May every year.  
7 And 2500 is a pretty good number for a town our size.

8 And the other thing I'd like to mention is,  
9 there's been a lot of birding that goes on at Herrick's  
10 Cove, and for us birders, we'd like to see an observation  
11 platform down on the Point, possibly with a boardwalk to get  
12 us down in there. It's just a real neat place.

13 What's happened, in going down to the Point, a  
14 lot of people have just gone right over through the  
15 vegetation and ruined a lot of the vegetation and caused  
16 erosion problems there. So if we could have something like  
17 a board walk there, it would save a lot of the erosion  
18 there.

19 MR. HOGAN: Yes, sir.

20 MR. FOX: Gary Fox. One of the things that was  
21 brought up in a community meeting around the canal was that,  
22 in terms of combining with recreational use and economic  
23 development, was the potential of infrequent but flow  
24 adjustments on the canal that would allow a recreational  
25 opportunity like they do in Providence, I guess. There's

1       some nights during the summer, on the canal they have some  
2       bonfires, and it's a major economic driver there for a  
3       festivity, and I bring it up because it was brought up at a  
4       community meeting, input for economic development here.

5               MR. HOGAN: Can you explain to me, what do you  
6       mean by bonfires on the canal?

7               MR. FOX: I can't exactly. I guess there's a --  
8       they have floating displays on the canals in Providence that  
9       draw a lot of people into the community on weekend summer  
10      nights. I guess that's the short and long of it.

11              MR. HOGAN: Thank you.

12              Other comments on recreation, land use, or  
13      aesthetics?

14              MR. DEEN: I would like to echo some of the  
15      things that have been said that TransCanada does maintain  
16      some -- Herrick's Cove, which is an astounding resource for  
17      the area, and they are working with Bellows Falls  
18      organizations to open up a hiking trail down towards the  
19      Saxtons River onto some easement land that's down there  
20      known as the Basin Farm.

21              But this is an unusual situation from here  
22      upriver to Charlestown in terms of the number of access  
23      points for non-water-related recreational activities. When  
24      you get above there, and the reservoir stretches some 26  
25      miles, I have been told, there aren't those hiking, biking,

1       birding opportunities; and I don't know if TransCanada has  
2       any fee simple land or it's all just flowage rights; but if  
3       they are going to do a recreation plan offering some of the  
4       just excellent opportunities around here, further up into  
5       the reservoir area I think should be part of that plan.

6               MR. HOGAN: Thank you, David.

7               Any other comments regarding recreation and land  
8       use or aesthetics?

9               Okay.

10                               Socioeconomic Resources

11               MR. HOGAN: Moving on, we've discussed  
12       socioeconomic resources as far as potential recreational  
13       opportunities in the area that may influence the local  
14       economy. Are there other socioeconomic type considerations  
15       that folks would like to see taken into account in FERC's  
16       NEPA document, or environmental analysis?

17               MS. LAMBERT: I don't know if this -- this really  
18       hasn't been mentioned tonight, but birdwatching is I believe  
19       the fastest-growing recreational activity in this country.  
20       I believe the statistics are 49 million people in this  
21       country watch birds for recreation. And I'd like to see  
22       more done to encourage bird watching.

23               We mentioned important bird area at Herrick's  
24       Cove. Actually, this report that we have in our resources  
25       inventory, and probably Alma Beals has it as well, but about

1 the important bird area that stretches all the way from the  
2 Massachusetts line up to about Charlestown, Springfield  
3 area. It's all considered an important bird area. And I  
4 just think that really needs to be emphasized in your  
5 management plan, to really balance out motorized recreation  
6 versus the needs of the wild birds and other animals that  
7 need some quiet time.

8 And since we're talking about recreation, just  
9 recognizing that there's people that -- maybe they're not  
10 getting on the river, but they're definitely wanting to look  
11 at the river and what's the wildlife that's there.

12 MR. HOGAN: Quick clarification. You say  
13 motorized, are you referring to boating, motorized boating  
14 versus any other type of recreation?

15 MS. LAMBERT: Well, it always makes me nervous  
16 whenever we start talking about recreational trails, because  
17 I don't know if they're specifying exactly what would be  
18 using these trails; whether it would include ATVs or whether  
19 it would just be foot traffic.

20 MR. HOGAN: Okay, thank you.

21 MS. LAMBERT: That's something you always needed  
22 to define right off.

23 MR. HOGAN: Other comments on socioeconomics?

24 Okay.

25 Cultural Resources

1                   MR. HOGAN: Cultural resources, we're interested  
2                   in potential project effects on historic properties or  
3                   cultural resources in the Bellows Falls project area.  
4                   Anyone have any comments or concerns that they'd like to  
5                   have identified and clearly articulated for FERC's analysis  
6                   on cultural resources?

7                   All right, hearing none.

8                   Developmental Resources

9                   MR. HOGAN: The last resource area on page 26 of  
10                  our Scoping Document 1 is developmental resources. This is  
11                  the resource area where the Commission evaluates potential  
12                  enhancements or mitigation measures associated with the  
13                  project that it may be recommending versus the value and  
14                  cost of the power; and that's an analysis that we do. We  
15                  don't have too much public input into that until we actually  
16                  do that analysis.

17                  I didn't want to just ignore it and you guys see  
18                  it and, "Why didn't Ken Hogan talk about developmental  
19                  resources?" It's an analysis that the Commission will do,  
20                  basically do the balancing of power resources versus  
21                  environmental resources, is the job we're charged with  
22                  doing.

23                  Does anybody have any questions about the  
24                  Commission's licensing process or next steps for proceeding?

25                  Everyone just wants to go home?

1 MS. LAMBERT: Is there a -- I see you've been  
2 taking a lot of notes. Is it required that we follow up  
3 everything we've said tonight with a written statement to  
4 the same effect? Or as sort of a complement to it?

5 MR. HOGAN: A written statement would be a  
6 complement to it. I do recommend that if you are requesting  
7 studies you do provide a written study request that does  
8 address study criteria. But as far as comments go, your  
9 comments are part of the record; they're going to be  
10 considered whether they're made at this meeting or in  
11 writing. If you decide you want to add to your comments,  
12 please do so in writing; but they carry the same weight.

13 MS. LAMBERT: Okay.

14 MR. HOGAN: Any other questions regarding our  
15 process or the next steps in the proceeding?

16 Okay. Don't forget: March 1st.

17 Thank you, everybody. I appreciate your time.  
18 We really appreciate the input, and hopefully we'll have a  
19 better document for it.

20 (Whereupon, at 9:09 p.m., the scoping meeting  
21 concluded.)

22

23

24

25

Document Content(s)

Bellows Falls Evening Meeting.DOC.....1-76